


Hall Drilling Docket 201-194
Salem Sportsman Club #1, #2



west virginia department of environmental protection

Oil and Gas Conservation Commission
601 57th Street, SE Charleston, WV 25304
(304)926-0499, Ext 1656

Joe Manchin III, Governor
Randy C. Huffman, Cabinet Secretary
www.wvdep.org

**BEFORE THE OIL AND GAS CONSERVATION COMMISSION
OF THE STATE OF WEST VIRGINIA**

IN RE: REQUEST BY HALL DRILLING, LLC
FOR EXCEPTION LOCATIONS REGARDING
THE DRILLING OF THE PROPOSED WELLS
IDENTIFIED AS THE SALEM SPORTSMANS
CLUB #1 AND #2, TO BE LOCATED IN
TENMILE DISTRICT, HARRISON COUNTY,
WEST VIRGINIA

DOCKET NO. 201-194
ORDER NO. 1

REPORT OF THE COMMISSION

This cause came before the Commission on August 25, 2009, in the Department of Environmental Protection Conference Room, Charleston, West Virginia after giving notice as required by law at the request of Hall Drilling, LLC (herein after referred to as "Hall"), seeking approval for an exception to Operational Rule 39-1.4.2, for the drilling of a proposed wells identified as Salem Sportsmans Club #1 and #2. Hall proposes to drill 80' into the Onondaga formation. The proposed location does not meet the spacing requirement imposed on deep wells; therefore, Hall has requested approval from the Commission for exception to rule 39-1.4.2.

The Commission heard testimony from a witness, Tom Wince, on behalf of Hall, and the witness was subject to cross examination. Following the testimony, there being no other witnesses or parties interested in or affected by the application present, the Board voted on and thereupon convened an executive session. After breaking from executive session, a Motion was made by a member of the Commission to grant the application of Hall on Sportsmans Club Well #1 for exception to the 400' spacing requirement from a lease line, and to grant the spacing exception to allow the drilling of the Sportsmans Club #2 well within 3000' of another deep well, being the Sportsmans Club #1 well. The Motion was properly seconded, and there being no objection, a vote was taken. There being three ayes, and no nays, with the chair abstaining and one member absent and not voting, the Motion carried, and the exceptions were granted. Thereupon, the Commission makes the following Findings of Fact and Conclusions of Law:

FINDINGS OF FACT

1. A quorum of the Commission was present and heard the matter.
2. The applicant is an operator within the meaning paragraph (4) subsection (a) of the West Virginia Code 22C-9-2.
3. Hall wishes to drill the Sportsmans Club #1 and #2 wells to reach the bottom of the Marcellus formation. The Marcellus shale formation lies directly above the Onondaga limestone formation. Hall intends to drill 80' into the Onondaga formation for rat hole purposes. Applicant's witness testified that 80' is necessary to fully log the Marcellus formation. The 80' of rat hole will allow

the applicant to get logging tools, casing, tubing and perforating tools to sufficient depth below the pay zone.

4. The witness testified that at no time will the Onondaga be perforated, produced from, or stimulated in any way.
5. The location of the proposed well was chosen due to the topography and the geology of the potential producing formation.
6. The proposed location of Sportsmans Club #1 well is 278' and from the lease line, and the spacing between Sportsmans Club #1 and #2 wells is 1104.7 feet, and therefore, exceptions to rule 39-1.4.2 are required.
7. The witness testified that there are no other deep wells within 3,000 of the proposed locations.
8. There were no objections by any noticed parties, and the witness testified that the company is in possession of written waivers from surface owners.
9. A Motion was made, and properly seconded, to grant Hall's applications for the exceptions to the spacing requirements.
10. The Commission voted upon the Motion, with it passing unanimously.

CONCLUSIONS OF LAW

1. That due notice of time, place and purpose of the hearing has been given in all respects as required by law.
2. That Operational rule 39-1.4.2 requires that all deep wells drilled shall be not less than 3,000 feet from a deep well drilling to or capable of producing hydrocarbons from the objective pool of the deep well and that each well be no less than 400' from a lease or unit boundary, and that Operational rule 39-1.4.3 allows for an exception to Operational rule 39-1.4.2.
3. That pursuant to Chapter 22C, Article 9, Code of West Virginia, as amended, the Commission has jurisdiction over the subject matter embraced in said notice, and the persons interested therein, and jurisdiction to promulgate the hereinafter prescribed Order, and that a quorum of the Commission was present at the hearing.

ORDER

Therefore, based on the Findings of Fact and Conclusions of Law, the West Virginia Oil and Gas Conservation Commission grants the applied for exceptions to rule 39-1.4.2 to Hall for the drilling of the Sportsmans Club #1 well within 400' of the lease line, and Sportsmans Club #2 will within 3000' of Sportsmans Club #1 well, and to drill 80' into the Onondaga formation. Furthermore, Hall will furnish to the Commission a copy of the bond log and perforating log within thirty days of the completion of the abovementioned well. In addition, Hall shall submit an affidavit signed by a principal of the company stating that the well was not and will not at any time in the future be produced, perforated or stimulated in any manner in a formation below the top of the Onondaga formation.

IN THE NAME OF THE STATE OF WEST VIRGINIA

OIL AND GAS CONSERVATION COMMISSION
OF THE STATE OF WEST VIRGINIA

By: Barry K. Lay
Barry K. Lay, Chairman

Dated this 9 th day of October, 2009, at Charleston, West Virginia.

BEFORE THE OIL AND GAS CONSERVATION COMMISSION
OF THE STATE OF WEST VIRGINIA

IN THE MATTER OF THE REQUEST BY
HALL DRILLING, LLC FOR EXCEPTION DOCKET NO. 201
LOCATIONS REGARDING THE DRILLING OF CAUSE NO. 194
THE PROPOSED WELLS IDENTIFIED AS THE
SALEM SPORTSMEN CLUB No. 1 and
SALEM SPORTSMEN CLUB No. 2 TO BE LOCATED
IN TENMILE DISTRICT, HARRISON COUNTY,
WEST VIRGINIA.

TRANSCRIPT OF PROCEEDINGS had or testimony
adduced in the above-entitled matter, on the on the 25th
day of August, 2009, commencing at 10:00 a.m. and
concluding at 10:14 a.m., at the Office of the Department
of Environmental Protection, 601 57th Street, S.E.,
Charleston, Kanawha County, West Virginia, pursuant to
notice to all interested parties.

BEFORE: BARRY LAY, Chairman
JAMES MARTIN, Member
ANTHONY GUM, Member
ROBERT RADABAUGH, Member
STACY DELONG, Counsel for Commission
CYNTHIA RAINES, Staff

ORIGINAL

NANCY MCNEALY
CERTIFIED COURT REPORTER
Post Office Box 13415
Charleston, West Virginia 25360-0415
(304) 988-2873 FAX (304) 988-1419

APPEARANCES: ON BEHALF OF HALL DRILLING AND
BLUESTONE ENERGY PARTNERS:

THOMAS WINCE

I N D E X

<u>Applicant's Witness:</u>	<u>Direct</u>	<u>Examination</u>
Thomas Wince	7	8 (Radabaugh) 8 (Martin) 9 (Lay) 10 (Martin)

<u>Commission's Exhibits:</u>	<u>Marked & Received</u>
No. 1, Notice of Continuance and Certified Receipt Cards	5
No. 2, Legal Advertisement Confirmation	5
No. 3, Application for Well No. 1	5
No. 4, Application for Well No. 2	5
No. 5, Revised Application for Well No. 1	7
No. 6, Revised Application for Well No. 2	7

Reporter's Certificate.....Page 13

1 CHAIRMAN LAY: Before the Oil and Gas
2 Conservation Commission of the State of West Virginia in
3 the matter of the Request by Hall Drilling, LLC for
4 Exception Locations Regarding the Drilling of the Proposed
5 Wells Identified as the Salem Sportsmen Club No. 1 and No.
6 2, to be Located in TenMile District, Harrison County, West
7 Virginia. This is Docket No. 102, Cause 194.

8 Let the record show that present are members
9 of the Commission, James Martin, Robert Radabaugh, Anthony
10 Gum and Barry Lay. Represented by counsel Stacy DeLong and
11 Cindy Raines of staff.

12 MR. MARTIN: Mr. Chairman, I think the -- I may
13 have misunderstood you, but I think the Docket is 201. I'm
14 not sure that's exactly what you said unless I'm looking at
15 the wrong one.

16 CHAIRMAN LAY: Did I say 202? I'm sorry. Then
17 we'll correct it as Docket 202. I'm reading and thinking
18 at the same time. Trying to get ahead of myself.

19 MR. GUM: 201.

20 CHAIRMAN LAY: It should be Docket No. 201, Cause
21 No. 195.

22 MR. GUM: Yes.

23 CHAIRMAN LAY: Okay, sorry. Now we've cleared
24 that up. I'd like to place of record as Exhibit 1, a copy

1 of the Notice of Hearing along with the receipts of
2 publication. Those are certified mail receipts, sorry.
3 Exhibit 2 is a copy of the legal ad. Exhibit 3 is a copy
4 of the Application for the Sportsmen Club No. 1 and Exhibit
5 4 is a copy of the Salem Sportsmen Club No. 2 Application.

6 (WHEREUPON, the Notice of Hearing
7 and Return Receipt Cards were
8 marked as Exhibit No. 1; the
9 Legal Advertisement Confirmation
10 was marked as Exhibit No. 2; the
11 Application for Sportsmen Club
12 No. 1 was marked as Exhibit No.
13 3; the Application for Sportsmen
14 Club No. 2 was marked as Exhibit
15 No. 4 for identification purposes
16 and received in evidence.)

17 CHAIRMAN LAY: The Commission will now take
18 appearances.

19 MR. WINCE: Tom Wince of Bluestone Energy,
20 Hall Drilling.

21 CHAIRMAN LAY: If the court reporter would swear
22 the witness, you can go ahead and present your evidence.

23 (Witness sworn.)

24 THEREUPON

1 T H O M A S W I N C E

2 called as a witness on behalf of Hall Drilling, having been
3 first duly sworn, testified as follows:

4 D I R E C T E X A M I N A T I O N

5 CHAIRMAN LAY: Mr. Wince, you can go ahead and
6 proceed.

7 THE WITNESS: Our lease name is Salem Sportsmen
8 Club, Incorporated lease, 44.37 acres, Well No. 1.
9 Distance from nearest lease line is 278 feet. Permitted
10 deep wells within 3,000 feet none. Proposed deep wells
11 Salem Sportsmen Club No. 2 applying for a deep well permit
12 to drill within 80 feet into the Onondaga per code. Hall
13 Drilling has no issue drilling within 3,000 feet of our own
14 wells as those wells listed above in relationship to the
15 proposed Salem Sportsmen Club Well No. 1.

16 CHAIRMAN LAY: Do you have any other -- you have
17 applied for the No. 2?

18 THE WITNESS: Yes, sir.

19 CHAIRMAN LAY: It's in the packet with this same
20 information?

21 THE WITNESS: Yes. Sorry about that.

22 CHAIRMAN LAY: Since these here are on the same
23 lease, we need to really address them together and I think
24 if you want to go ahead and tell us about the No. 2.

1 THE WITNESS: Well No. 2, lease name Salem
2 Sportsmen Club, Incorporated lease, 44.37 acres. Distance
3 from the nearest lease line is 350 feet. Permitted deep
4 wells within 3,000 feet none. Proposed deep wells, Salem
5 Sportsmen Club No. 1. Applying for deep well permit to
6 drill within 80 feet into the Onondaga per code. Hall
7 Drilling has no issue drilling with 3,000 of our owns as
8 those wells listed above in relationship to the proposed
9 Salem Sportsmen Club Well No. 2.

10 CHAIRMAN LAY: Do you have anything else?

11 THE WITNESS: No, sir.

12 CHAIRMAN LAY: If there's no objections, I'd like
13 to admit these as Exhibit 5 and 6. No. 1 being Exhibit 5
14 and No. 2 being Exhibit 6.

15 (WHEREUPON, the Revised
16 Application for Well No. 1 was
17 marked as Exhibit 5 and the
18 Revised Application for Well No.
19 2 was marked as Exhibit 5 for
20 identification and received in
21 evidence.)

22 CHAIRMAN LAY; Do you have anything further?

23 THE WITNESS: No, sir.

24 CHAIRMAN LAY: Questions from members of the

1 Commission?

2 **EXAMINATION**

3 BY MR. RADABAUGH:

4 Q Have there been any objections from surface
5 owner or coal owner; is there anybody in regards to this?

6 A No, sir. We have notified the coal company,
7 but we are out of the proposed mining plan.

8 CHAIRMAN LAY: Other questions?

9 MR. GUM: No.

10 MR. MARTIN: Me.

11 **EXAMINATION**

12 BY MR. MARTIN:

13 Q Mr. Wince, what's the distance between the 1
14 and 2 Wells?

15 A The distance between Well No. 1 and Well No.
16 2 is 1104.7 feet.

17 Q Is that your standard, kind of a standard
18 spacing in the company for this kind of production?

19 A Our standard in-house spacing is no less
20 than a 1000 feet.

21 MR. RADABAUGH: What did you say that was, no
22 less than?

23 THE WITNESS: The distance between the Well 1
24 and Well 2 is 1104.7.

1 MR. RADABAUGH: Okay.

2 CHAIRMAN LAY: I just have a couple questions.

3 **EXAMINATION**

4 BY CHAIRMAN LAY:

5 Q You have surface owner -- that surface owner
6 sign a waiver of both wells?

7 A Yes, sir.

8 Q So he's in agreement with the location of
9 these?

10 A Yes, sir, it's a Sportsmen Club and the
11 Trustees, I believe, a surface waiver is attached to this
12 exhibit.

13 Q Okay.

14 A And one of the Trustees signed off on it
15 representing the other individuals.

16 Q And your purpose for drilling 80 foot into
17 the Onondaga is to --

18 A Rat hole purposes for logging.

19 Q Okay. It's not your intention to complete
20 anything below the top of the Onondaga?

21 A No, sir.

22 Q Was there any way to space these locations
23 to have them conform to the 400 foot spacing requirements?

24 A Terrain. I'm up on actually the side of a

1 ridge here and the 350 which is Well No. 2 I was looking to
2 get 400 feet but because of terrain issues I was not able
3 to get that.

4 Q It looks like it's in kind of a small cove,
5 the No. 2?

6 A It's on a bench below the ridge.

7 Q The No. 1 appears to be on a point?

8 A The No. 1 is on a point.

9 CHAIRMAN LAY: I don't have any other questions.
10 Anyone else?

11 **EXAMINATION (Continuing)**

12 BY MR. MARTIN:

13 Q Your request is for exception location due
14 to spacing from the lease line for both wells, right?

15 A Yes, sir.

16 Q And then I guess you're also looking at the
17 3,000 foot spacing as an issue at least for one of them
18 depending on which one is second in line, right?

19 A Yes, sir.

20 Q Who has the surrounding leases, do you know?
21 I mean is it your company or is it --

22 A The City of Salem up to the northeast, we
23 currently have that under lease. The southern tracts I
24 don't know for sure who has that under lease and then

1 tracts to the west I believe we are working on two of
2 those, you know, I guess currently.

3 MR. MARTIN: Thank you. That's all I have, Mr.
4 Chairman.

5 CHAIRMAN LAY: If there's nothing else, we will
6 close the record.

7 (WHEREUPON, the Commission
8 deliberated, after which the
9 proceedings continued as
10 follows:)

11 CHAIRMAN LAY: After deliberation do we have a
12 motion?

13 MR. RADABAUGH: I'd like to make a motion, Mr.
14 Chairman. Make a motion to grant Hall Drilling the request
15 for the exception to the rule for wells, Salem Sportsmen
16 Club No. 1 and No. 2 to be within 400 feet of the lease
17 line. Also allow the exception for both of those wells to
18 be within 3,000 feet of each other. Also to allow Hall the
19 exception to drill a total depth of 80 feet into the
20 Onondaga formation for the purpose of logging. Hall
21 Drilling shall submit to the Commission an affidavit signed
22 by an officer of the company stating that nothing below the
23 top of the Onondaga was perforated, frac'd or is being
24 produced. They shall also supply to the Commission a copy

1 of the well log and perforation log. If at a later date
2 Hall decides to either perforate, frac, or produce anything
3 below the top of the Onondaga for these wells, they must
4 appear before the Commission and request the right to do
5 so.

6 MR. GUM: I will second that motion.

7 CHAIRMAN LAY: We have a motion and a second.
8 Any further discussion? If not, all of those in favor of
9 the motion, aye?

10 COMMISSION: Aye.

11 CHAIRMAN LAY: Opposed nay? Motion carried.
12 Your relief is granted. Anything else for the record?

13 THE WITNESS: No.

14 CHAIRMAN LAY: Okay, if not, we'll close the
15 record.

16 (Witness stands aside.)

(WHEREUPON, the proceeding was concluded.)

REPORTER'S CERTIFICATE


STATE OF WEST VIRGINIA,
COUNTY OF KANAWHA, to wit:

I, **NANCY MCNEALY**, Certified Verbatim Court Reporter and Commissioner of West Virginia, do hereby certify that the foregoing is, to the best of my skill and ability, a true and accurate transcript of all the proceedings as set forth in the caption hereof.



Given under my hand this 26th day of August, 2009.

My commission expires November 26, 2010.





Certified Verbatim Reporter
Commissioner of West Virginia



west virginia department of environmental protection

Oil and Gas Conservation Commission
601 57th Street, SE Charleston, WV 25304
(304)926-0499, Ext 1656

Joe Manchin III, Governor
Randy C. Huffman, Cabinet Secretary
www.wvdep.org

**BEFORE THE OIL AND GAS CONSERVATION COMMISSION
OF THE STATE OF WEST VIRGINIA**

IN THE MATTER OF THE REQUEST BY HALL DRILLING,
LLC FOR EXCEPTION LOCATIONS REGARDING THE
DRILLING OF THE PROPOSED WELLS IDENTIFIED AS THE
SALEM SPORTSMANS CLUB #1 AND #2, TO BE LOCATED
IN TENMILE DISTRICT, HARRISON COUNTY, WEST VIRGINIA.

**DOCKET NO. 201
CAUSE NO. 194**

NOTICE OF HEARING

Hall Drilling, LLC ("Hall") has requested the Commission grant an exception to Rule 39.1.4.2 for the proposed wells identified as the Salem Sportsman Club #1 and #2 to be located in Harrison County, West Virginia. The proposed well locations do not meet the spacing requirements imposed on deep wells; therefore, Hall has requested approval from the Commission for an exception to the rule as provided in 39.1.4.3.

The matter has been scheduled as stated below:

DATE: August 25, 2009

TIME: 10:00 am

PLACE: Department of Environmental Protection
Oil and Gas Conservation Commission
601 57th Street, SE
Charleston, WV 25304

IN THE NAME OF THE STATE OF WEST VIRGINIA

OIL AND GAS CONSERVATION COMMISSION
OF THE STATE OF WEST VIRGINIA

By: Barry K. Lay
Barry K. Lay, Chairman

Dated this 31st of July 2009, at Charleston, West Virginia.

[Home](#) | [Help](#) | [Sign In](#)[Track & Confirm](#)[FAQs](#)

Track & Confirm

Search Results

Label/Receipt Number: 9171 0821 3339 3615 6898 87

Class: **First-Class Mail®**Service(s): **Return Receipt Electronic**Status: **Delivered**

Your item was delivered at 10:12 AM on August 4, 2009 in ELLENBORO, WV 26346.

Detailed Results:

- Delivered, August 04, 2009, 10:12 am, ELLENBORO, WV 26346
- Notice Left, August 04, 2009, 9:23 am, ELLENBORO, WV 26346
- Electronic Shipping Info Received, August 03, 2009

Notification Options

Track & Confirm by email

Get current event information or updates for your item sent to you or others by email. [Go >](#)

Return Receipt (Electronic)

Verify who signed for your item by email. [Go >](#)

Track & Confirm

Enter Label/Receipt Number.

[Go >](#)[Site Map](#)[Customer Service](#)[Forms](#)[Gov't Services](#)[Careers](#)[Privacy Policy](#)[Terms of Use](#)[Business Customer Gateway](#)

Copyright© 2009 USPS. All Rights Reserved.

No FEAR Act EEO Data

FOIA



The United States Postal Service is an Equal Opportunity Employer.



The United States Postal Service is an Equal Opportunity Employer.

[Home](#) | [Help](#) | [Sign In](#)[Track & Confirm](#)[FAQs](#)

Track & Confirm

Search Results

Label/Receipt Number: 9171 0821 3339 3615 6898 70

Class: **First-Class Mail®**Service(s): **Return Receipt Electronic**Status: **Delivered**

Your item was delivered at 10:19 AM on August 5, 2009 in SALEM, WV 26426.

Detailed Results:

- **Delivered, August 05, 2009, 10:19 am, SALEM, WV 26426**
- **Notice Left, August 04, 2009, 1:50 pm, SALEM, WV 26426**
- **Arrival at Unit, August 04, 2009, 8:11 am, SALEM, WV 26426**
- **Electronic Shipping Info Received, August 03, 2009**

Notification Options

Track & Confirm by email

Get current event information or updates for your item sent to you or others by email. [Go >](#)

Return Receipt (Electronic)

Verify who signed for your item by email. [Go >](#)

Track & Confirm

Enter Label/Receipt Number.

[Go >](#)[Site Map](#)[Customer Service](#)[Forms](#)[Gov't Services](#)[Careers](#)[Privacy Policy](#)[Terms of Use](#)[Business Customer Gateway](#)

Copyright© 2009 USPS. All Rights Reserved.

No FEAR Act EEO Data

FOIA



The United States Postal Service is an Equal Opportunity Employer.



The United States Postal Service is committed to providing accessible services to all customers.

[Home](#) | [Help](#) | [Sign In](#)[Track & Confirm](#)[FAQs](#)

Track & Confirm

Search Results

Label/Receipt Number: 9171 0821 3339 3615 6898 63

Class: First-Class Mail®

Service(s): Return Receipt Electronic

Status: Delivered

Your item was delivered at 10:46 AM on August 5, 2009 in WHEELING, WV 26003.

Detailed Results:

- Delivered, August 05, 2009, 10:46 am, WHEELING, WV 26003
- Electronic Shipping Info Received, August 03, 2009

Notification Options

Track & Confirm by email

Get current event information or updates for your item sent to you or others by email. [Go >](#)

Return Receipt (Electronic)

Verify who signed for your item by email. [Go >](#)

Track & Confirm

Enter Label/Receipt Number.

[Go >](#)[Site Map](#)[Customer Service](#)[Forms](#)[Gov't Services](#)[Careers](#)[Privacy Policy](#)[Terms of Use](#)[Business Customer Gateway](#)

Copyright© 2009 USPS. All Rights Reserved.

No FEAR Act EEO Data

FOIA



The United States Postal Service is an Equal Opportunity Employer.



The United States Postal Service is an Equal Opportunity Employer.

[Home](#) | [Help](#) | [Sign In](#)[Track & Confirm](#)[FAQs](#)

Track & Confirm

Search Results

Label/Receipt Number: **9171 0821 3339 3615 6898 56**Class: **First-Class Mail®**Service(s): **Return Receipt Electronic**Status: **Delivered**

Your item was delivered at 2:29 PM on August 6, 2009 in CLARKSBURG, WV 26301.

Detailed Results:

- Delivered, August 06, 2009, 2:29 pm, CLARKSBURG, WV 26301
- Notice Left, August 04, 2009, 11:34 am, CLARKSBURG, WV 26301
- Electronic Shipping Info Received, August 03, 2009

Notification Options

Track & Confirm by email

Get current event information or updates for your item sent to you or others by email. [Go >](#)

Return Receipt (Electronic)

Verify who signed for your item by email. [Go >](#)

Track & Confirm

Enter Label/Receipt Number.

[Go >](#)[Site Map](#)[Customer Service](#)[Forms](#)[Gov't Services](#)[Careers](#)[Privacy Policy](#)[Terms of Use](#)[Business Customer Gateway](#)

Copyright© 2009 USPS. All Rights Reserved.


No FEAR Act EEO Data

FOIA

Hàng hóa vận chuyển
An toàn và bảo mậtHàng hóa vận chuyển
An toàn và bảo mật

Raines, Cindy J

From: Raines, Cindy J
Sent: Saturday, August 01, 2009 11:45 AM
To: 'legals@exponent-telegram.com'
Subject: Legal ad - Docket 201-194
Attachments: ogcc 201-194.doc



Please print the attached as a Class II legal ad and confirm receipt of this request.
Invoice should be mailed to:
Oil and Gas Conservation Commission
601 57th Street, SE
Charleston, WV 25304

33-05292

WW - 2B

STATE OF WEST VIRGINIA
DEPARTMENT OF ENVIRONMENTAL PROTECTION, OFFICE OF OIL AND GAS
WELL WORK PERMIT APPLICATION

1) Well Operator Hall Drilling, LLC

	HARR- ISON	TEN- MILE	SALEM 7.5
Operator ID	County	District	Quadrangle

2) Operator's Well Number: SALEM SPORTSMEN CLUB # 1 3) Elevation: 1315'

4) Well Type: (a) Oil _____ or Gas X
 (b) If Gas: Production X / Underground Storage _____
 Deep X / Shallow _____

5) Proposed Target Formation(s): Marcellus6) Proposed Total Depth: 8100 Feet7) Approximate fresh water strata depths: 210'8) Approximate salt water depths: 1200'9) Approximate coal seam depths: 900' - 965'10) Does land contain coal seams tributary to active mine? No

11) Describe proposed well work To drill and stimulate a new well, proposed well to be drilled 80 Feet into the Onondaga for logging purposes, Marcellus completion

12) **CASING AND TUBING PROGRAM**

TYPE	SPECIFICATIONS			FOOTAGE INTERVALS		CEMENT
	Size	Grade	Weight per ft	For Drilling	Left in Well	Fill -up (Cu. Ft.)
Conductor						
Fresh Water	9 5/8		22 [#]	310'	310'	CTS
Coal						
Intermediate	7"		16 [#]	2180'	2180'	CTS
Production	4 1/2"		11.80 [#]	8100'	8100'	By Rule 35 csl 4-11.1
Tubing						
Liners						


Packers: Kind
 Sizes
 Depths Set

RECEIVED

Office of Oil & Gas

JUL 9 2009

OK# 16091
 900'



WV Department of
 Environmental Protection

1) Date: 06/01/09
2) Operator's Well Number
SALEM SPORTSMEN CLUB # 1

3) API Well No.: 47 - 033 - 05292
State County Permit

STATE OF WEST VIRGINIA
DEPARTMENT OF ENVIRONMENTAL PROTECTION, OFFICE OF OIL AND GAS
NOTICE AND APPLICATION FOR A WELL WORK PERMIT

4) Surface Owner(s) to be served:
(a) Name SALEM SPORTSMEN CLUB, INC
Address RR 5 BOX 1326
SALEM, WV 26426
(b) Name N/A
Address
(c) Name N/A
Address
6) Inspector TIM BENNETT
Address 601 57TH ST. SE
CHARLESTON, WV 25304
Telephone 304-269-3606

5) (a) Coal Operator
Name Virginia Tetrick Hirs c/o Guy Corporation
Address 92 16th Street, 2nd Floor
Wheeling, WV 26003
(b) Coal Owner(s) with Declaration
Name American Mountaineer Energy, Inc.
Address Rt. 2 Box 406, Suite 115
Clarksburg, WV 26301
(c) Coal Lessee with Declaration
Name N/A
Address

TO THE PERSONS NAMED ABOVE TAKE NOTICE THAT:

OR Included is the lease or leases or other continuing contract or contracts by which I hold the right to extract oil and gas

X Included is the information required by Chapter 22, Article 6, Section 8(d) of the Code of West Virginia (see page 2)

I certify that as required under Chapter 22-6 of the West Virginia Code I have served copies of this notice and application, a location plat, and accompanying documents pages 1 through ___ on the above named parties by:

Personal Service (Affidavit attached)
X Certified Mail (Postmarked postal receipt attached)
Publication (Notice of Publication attached)

I have read and understand Chapter 22-6 and 35 CSR 4, and I agree to the terms and conditions of any permit issued under this application.

I certify under penalty of law that I have personally examined and am familiar with the information submitted on this application form and all attachments, and that based on my inquiry of those individuals immediately responsible for obtaining the information, I believe that the information is true, accurate and complete.

I am aware that there are significant penalties for submitting false information, including the possibility of fine and imprisonment.

Well Operator Hall Drilling, LLC
By: Mike Hall
Its: Designated Agent
Address P.O. Box 249
Ellenboro, WV 26346
Telephone 304-869-3405

Subscribed and sworn before me this 2 day of July

My Commission Expires 4/18/2011

RECEIVED
Office of Oil & Gas
JUL 9 2009

WV Department of
Environmental Protection

Operator's Well Number SALEM SPORTSMEN CLUB # 1

INFORMATION SUPPLIED UNDER WEST VIRGINIA CODE
Chapter 22, Article 6, Section 8(d)
IN LIEU OF FILING LEASE(S) AND OTHER CONTINUING CONTRACT(S)

Under the oath required to make the verification on page 1 of this Notice and Application, I depose and say that I am the person who signed the Notice and Application for the Applicant, and that –

- (1) the tract of land is the same tract described in this Application, partly or wholly depicted in the accompanying plat, and described in the Construction and Reclamation Plan;
- (2) the parties and recordation data (if recorded) for lease(s) or other continuing contract(s) by which the Applicant claims the right to extract, produce or market the oil or gas are as follows:

Grantor, lessor, etc.	Grantee, lessee, etc.	Royalty	Book/Page
Clarence W. Mutscheiknaus	Bluestone Energy Partners	1/8	1428/811

Well Operator: Hall Drilling, LLC
By: Mike Hall
Its: Designated Agent

RECEIVED
Office of Oil & Gas
JUL 9 2009
WV Department of
Environmental Protection

West Virginia Department of Environmental Protection
Office of Oil and Gas

33-05292

NOTICE TO SURFACE OWNERS

The well operator named below is preparing to file for a permit from the state to drill a new well. Before a well work permit can be filed with the Chief of the Office of Oil and Gas, the well operator is required to have given notice of the right to request water well or spring analytical testing. This notice shall be given to the owners or occupants of land which have a water well or spring being utilized for human consumption, domestic animals, or other general use and which is located within 1000 feet of the proposed well site.

With this form, the operator is giving you notice of your right to request analytical testing. The operator is required to sample and analyze the water wells or springs of all owners or occupants who request it. Therefore, if you wish to have your water well or spring tested, contact the operator named below.

All sampling shall be completed prior to drilling. Within thirty (30) days of the receipt of such sample analyses the operator shall submit the results to the Chief of the Office of Oil and Gas and to the owners or occupants who may have requested them.

If no water well or spring is located within 1000 feet, the Chief may require the operator to sample and analyze water from a water well or spring within 2000 feet of the proposed well site.

Be advised, you have the right to sample and analyze any water supply at your own expense.

The laboratory used by the operator to analyze the samples will be approved by the Chief. The operator named below has decided to use the following laboratory to analyze the water samples:

X Contractor Name Moody & Summers Land Surveying, LLC
 Well operator's private laboratory

Well Operator Hall Drilling, LLC
Address P.O. Box 249
Ellenboro, WV 26346
Telephone 304-869-3405

FOR OPERATOR'S USE ONLY: Below, or on an attached page, list those persons which were given this notice. Place an asterisk beside the one(s) that contacted you and requested sampling and analyses. If there were no requests made, indicate by underling which one you have selected to sample and analyze. If there are no water wells or springs within 1000 feet of the proposed site please indicate such.

Note: There appears to be possibly 6 +/- potential potable water sources within 1,000', therefore tests will be offered and samples taken as required.

RECEIVED
Office of Oil & Gas

JUL 9 2009

WV Department of
Environmental Protection

33-05292

MOODY & SUMMERS LAND SURVEYING, LLC
P.O. BOX 293 ELLENBORO, WV 26346
(304) 665-7044

ENVIRONMENTAL DIVISION

WELL INFORMATION & POTENTIAL WATER WELL SAMPLE DATA SHEET

OPERATOR: HALL DRILLING, LLC

LEASE NAME & NUMBER: SALEM SPORTSMEN CLUB # 1

COMMENTS

The initial mapping review of the area surrounding the proposed well site revealed the below listed surface owner(s) that were potentially utilizing groundwater (potable) for Human Consumption or other purposes within 1000' of the proposed well site. The following landowners have been notified of the opportunity to request a water sample should it be necessary.

- Please note that the following information is subject to change upon field inspection.

INDIVIDUAL CONTACTED OR NOTIFIED

OWNER/OCCUPANT: SALEM SPORTSMEN CLUB INC.

ADDRESS: RR 5 BOX 1326 SALEM, WV 26426

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: ROBERT FERGUSON

ADDRESS: 5621 INDIANA DR, LADYLAKE, FL 32159

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: JAMES BROWN

ADDRESS: RR 5 BOX 224 SALEM, WV 26426

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: ROBERT ANDREWS

ADDRESS: RR 5 BOX 244 SALEM, WV 26426

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: GWENDOLYN DAVIS

ADDRESS: 77 WATER ST. SALEM, WV 26426

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: JOHN CARLISLE

ADDRESS: RR 5 BOX 254 SALEM, WV 26426

LETTER/NOTICE DATE: _____

COMMENTS: _____

RECEIVED
Office of Oil & Gas

JUL 9 2009

WV Department of
Environmental Protection

STATE OF WEST VIRGINIA
DEPARTMENT OF ENVIRONMENTAL PROTECTION,
OFFICE OF OIL AND GAS

CONSTRUCTION AND RECLAMATION PLAN AND SITE REGISTRATION APPLICATION FORM
GENERAL PERMIT FOR OIL AND GAS PIT WASTE DISCHARGE

Operator Name Hall Drilling, LLC OP Code _____
Watershed JACOB'S RUN Quadrangle SALEM
Elevation 1315' County HARRISON District TENMILE

Description of anticipated Pit Waste: Drill Water, Frac Blow Back & Various Formation Cuttings

Will a synthetic liner be used in the pit? Yes

Proposed Disposal Method For Treated Pit Wastes:

☒ Land Application
☐ Underground Injection (UIC Permit Number _____)
☐ Reuse (at API Number _____)
☐ Off Site Disposal (Supply form WW-9 for disposal location)
☐ Other (Explain _____)

Proposed Work For Which Pit Will Be Used:

☒ Drilling ☒ Swabbing
☐ Workover ☐ Plugging
☐ Other (Explain _____)

I certify that I understand and agree to the terms and conditions of the GENERAL WATER POLLUTION PERMIT issued on August 1, 2005, by the Office of Oil and Gas of the West Virginia Department of Environmental Protection. I understand that the provisions of the permit are enforceable by law. Violations of any term or condition of the general permit and/or other applicable law or regulation can lead to enforcement action.

I certify under penalty of law that I have personally examined and am familiar with the information submitted on this application form and all attachments thereto and that, based on my inquiry of those individuals immediately responsible for obtaining the information, I believe that the information is true, accurate, and complete. I am aware that there are significant penalties for submitting false information, including the possibility of fine or imprisonment.

Company Official Signature _____

Company Official (Typed Name) Mike Hall

Company Official Title President

Subscribed and sworn before me this 3rd day of July, 2009

Notary Public

My commission expires 4/18/2011

RECEIVED
Office of Oil & Gas

JUL 9 2009

WV Department of
Environmental Protection

33-05292

FORM WW-9

SALEM SPORTSMEN CLUB, INC. LEASE WELL # 1 RECLAMATION PLAN

PAGE OF

LINE	BEARING	DISTANCE
L1	+4-6 %	185'
L2	+10-12 %	103'
L3	+8-10 %	35'
L4	+12-14 %	190'
L5	+18-20 %	120'
L6	+18-20 %	36'
L7	+14-16 %	83'
L8	+18-20 %	57'
L9	+18-20 %	37'
L10	+18-20 %	65'
L11	+16-18 %	152'
L12	+10-12 %	64'
L13	+4-6 %	48'
L14	-10-12 %	55'
L15	-6-8 %	77'
L16	-16-18 %	201'
L17	0-2 %	114'
L18	0-2 %	155'
L19	-2-4 %	158'
L20	0-2 %	111'
L21	+4-6 %	195'



**WELL
2**

ALL ROADS SHOWN HEREON SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.E.P. OIL AND GAS BMP MANUAL. ENTRANCES AT COUNTY/STATE ROADS SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.O.T. REGULATIONS. SEPERATE PERMITS MAY BE REQUIRED BY THE D.O.T.

SEDIMENT BASINS AND APPROPRIATE EROSION CONTROL BARRIERS ARE TO BE CONSTRUCTED AT ALL CULVERT AND CROSS DRAIN INLETS AND OUTLETS AS REQUIRED IN THE D.E.P. OIL AND GAS BMP MANUAL. FIELD CONDITIONS MAY PROHIBIT INLET TRAPS BEING INSTALLED. WHEN THESE CONDITIONS EXIST, ADDITIONAL EROSION CONTROL MEASURES SHALL BE EVALUATED AND UTILIZED WHEN NEEDED.

EARTHWORK CONTRACTORS ARE RESPONSIBLE FOR NOTIFICATION TO THE OPERATOR AND INSPECTOR PRIOR TO ANY DEVIATION FROM THIS RECLAMATION PLAN.

PRE SEED AND MULCH ALL SLOPES AFTER CONSTRUCTION OF LOCATION.

BRUSH TO BE UTILIZED AS SEDIMENT BARRIER BELOW CONSTRUCTION AREAS.

NOT TO SCALE
NORTH

INSTALL 12-INCH MINIMUM CULVERT AT ALL SHOWN UNLESS NOTED.

WATER BREAK

SALEM SPORTSMEN CLUB, INC
44.37 AC. +/-

**WELL
1**

REFERENCE SKETCH

NOT TO SCALE

WELL NO. 1

REF:

REF:

PIT SIZE
200'x175'x8'
FRESHWATER
PIT

WOODS

WOODS

PROPOSED GRADE

ALT.

PIT

CUT

RECEIVED

Office of Soil & Gas Fill

JUL

WOODS

WOODS

WV Department of
Environmental Protection

**MOODY & SUMMERS
LAND SURVEYING, LLC**

P.O. BOX 293, ELLENBORO, WV 26346
(304) 869-4042

DATE: 6/01/09


DRAWN BY: JEM

JOB #: 09-055

33-05292

FORM WW-9

PAGE ___ OF ___



MOODY & SUMMERS LAND SURVEYING, LLC
P.O. BOX 293 ELLENBORO, WV 26346
(304) 869-4042

WV Department of
Environmental Protection
TOPO, Salem 7.5'
09-055 06/01/09 1" = 1000'

WW-2A Surface Waiver

SURFACE OWNER WAIVER

County HARRISON

Operator

Hall Drilling, LLC

Operator well number

SALEM SPORTSMENCLUB # 1**INSTRUCTIONS TO SURFACE OWNERS NAMED ON PAGE WW2-A**

The well operator named on page WW2A is applying for a permit from the State to do oil or gas well work. (Note: If the surface tract is owned by more than three persons, then these materials were served on you because your name appeared on the Sheriff's tax ticket on the land or because you actually occupy the surface tract. In either case, you may be the only owner who will actually receive these materials.) See Chapter 22 of the West Virginia Code. Well work permits are valid for 24 months. If you do not own any interest in the surface tract, please forward these materials to the true owner immediately if you know who it is. Also, please notify the well operator and the Office of Oil and Gas.

NOTE: YOU ARE NOT REQUIRED TO FILE ANY COMMENT.**WHERE TO FILE COMMENTS AND OBTAIN ADDITIONAL INFORMATION:**

Chief, Office of Oil and Gas
Department of Environmental Protection
601 57th St SE
Charleston, WV 25304
(304) 926-0450

Time Limits and methods for filing comments. The law requires these materials to be served on or before the date the operator files his Application. You have **FIFTEEN (15) DAYS** after the filing date to file your comments. Comments must be filed in person or received in the mail by the Chief's office by the time stated above. You may call the Chief's office to be sure of the date. Check with your postmaster to ensure adequate delivery time or to arrange special expedited handling. If you have been contacted by the well operator and you have signed a "voluntary statement of no objection" to the planned work described in these materials, then the permit may be issued at any time.

Comments must be in writing. Your comments must include your name, address and telephone number, the well operator's name and well number and the approximate location of the proposed well site including district and county from the application. You may add other documents, such as sketches, maps or photographs to support your comments.

The Chief has the power to deny or condition a well work permit based on comments on the following grounds:

- 1) The proposed well work will constitute a hazard to the safety of persons.
- 2) The soil erosion and sediment control plan is not adequate or effective;
- 3) Damage would occur to publicly owned lands or resources;
- 4) The proposed well work fails to protect fresh water sources or supplies;
- 5) The applicant has committed a substantial violation of a previous permit or a substantial violation of one or more of the rules promulgated under Chapter 22, and has failed to abate or seek review of the violation...."

If you want a copy of the permit as it is issued or a copy of the order denying the permit, you should request a copy from the Chief.

List of Water Testing Laboratories. The Office maintains a list of water testing laboratories which you can hire to test your water to establish water quality prior to and after drilling. Contact the Chief to obtain a copy.

VOLUNTARY STATEMENT OF NO OBJECTION

I hereby state that I have read the instructions to surface owners and that I have received copies of a Notice and Application for a Well Work Permit on Form WW2-A, and attachments consisting of pages 1 through ____ including a work order on Form WW2-B, a survey plat, and a soil and erosion plan, all for proposed well work on my surface land as described therein.

I further state that I have no objection to the planned work described in these materials, and I have no objection to a permit being issued on those materials.

FOR EXECUTION BY A NATURAL PERSON

FOR EXECUTION BY A CORPORATION, ETC.

Signature

Date 6-30-09

Company
Name
By
Its

Print Name

Kevin Fluharty, Boardmember

RECEIVED
Office of Oil & Gas

Date

Signature

JUL 9 2009

Date

WV Department of
Environmental Protection

Coal Owner
Notification
Salem Sportsman Club
Well No. 1
Well No. 2

7007 1490 0004 3632 8479

U.S. Postal Service TM	
CERTIFIED MAILTM RECEIPT	
(Domestic Mail Only; No Insurance Coverage Provided)	
For delivery information visit our website at www.usps.com	
OFFICIAL USE	
Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00

Postmark Here

Sent To: American Mountaineer Energy, Inc.
Street, Apt. No., or PO Box No. Rt. 2 Box 406, Suite 115
City, State, ZIP+4 Charlestown, WV 26301

PS Form 3800, August 2006 See Reverse for Instructions

7007 1490 0004 3632 8462

U.S. Postal Service TM	
CERTIFIED MAILTM RECEIPT	
(Domestic Mail Only; No Insurance Coverage Provided)	
For delivery information visit our website at www.usps.com	
OFFICIAL USE	
Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00

Postmark Here

Sent To: Virginia Tetric Heirs Co. Guy Corporation
Street, Apt. No., or PO Box No. 92 11th Street, 2nd Floor
City, State, ZIP+4 Wheeling, WV 26003

PS Form 3800, August 2006 See Reverse for Instructions

RECEIVED
Office of Oil & Gas
JUL 9 2009

WV Department of
Environmental Protection

SURV. LAT:39°17'54.1"
DEC LAT:39 29836

FORM WW-6

33-05293

WW - 2B

STATE OF WEST VIRGINIA
DEPARTMENT OF ENVIRONMENTAL PROTECTION, OFFICE OF OIL AND GAS
WELL WORK PERMIT APPLICATION

9 596

1) Well Operator Hall Drilling, LLC

	HARR- ISON	TEN- MILE	SALEM 7.5
Operator ID	County	District	Quadrangle

2) Operator's Well Number: SALEM SPORTSMEN CLUB # 2 3) Elevation: 1307'

4) Well Type: (a) Oil _____ or Gas X
 (b) If Gas: Production X / Underground Storage _____
 Deep X / Shallow _____


5) Proposed Target Formation(s): Marcellus6) Proposed Total Depth: 8100 Feet7) Approximate fresh water strata depths: 210'8) Approximate salt water depths: 1112'9) Approximate coal seam depths: 905' - 910'10) Does land contain coal seams tributary to active mine? No

11) Describe proposed well work To drill and stimulate a new well, proposed well to be drilled 80 Feet into the Onondaga for logging purposes, Marcellus completion ✓

12) **CASING AND TUBING PROGRAM**

TYPE	SPECIFICATIONS			FOOTAGE INTERVALS		CEMENT
	Size	Grade	Weight per ft	For Drilling	Left in Well	Fill -up (Cu. Ft.)
Conductor						
Fresh Water	9 5/8		22 [#]	320'	320'	CTS
Coal						
Intermediate	7"		16 [#]	2220'	2220'	CTS
Production	4 1/2"		11.80 [#]	8100'	8100'	By Rule 85 csl 4-11-1
Tubing						
Liners						

Packers: Kind _____
 Sizes _____
 Depths Set _____



OK # 110091
 900-

RECEIVED
 Office of Oil & Gas
 JUL 9 2009
 WV Department of
 Environmental Protection

1) Date: 06/01/09
2) Operator's Well Number
SALEM SPORTSMEN CLUB # 2
3) API Well No.: 47 - 033 - 05293
State County Permit

STATE OF WEST VIRGINIA
DEPARTMENT OF ENVIRONMENTAL PROTECTION, OFFICE OF OIL AND GAS
NOTICE AND APPLICATION FOR A WELL WORK PERMIT

4) Surface Owner(s) to be served:	5) (a) Coal Operator
(a) Name <u>SALEM SPORTSMEN CLUB, INC</u>	Name <u>Virginia Tetrick Heirs c/o Guy Corporation</u>
Address <u>RR 5 BOX 1326</u>	Address <u>92 16th Street, 2nd Floor</u>
<u>SALEM, WV 26426</u>	<u>Wheeling, WV 26003</u>
(b) Name <u>N/A</u>	(b) Coal Owner(s) with Declaration
Address _____	Name <u>American Mountaineer Energy, Inc.</u>
_____	Address <u>Rt. 2 Box 406, Suite 115</u>
(c) Name <u>N/A</u>	<u>Clarksburg, WV 26301</u>
Address _____	Name _____
_____	Address _____
6) Inspector <u>TIM BENNETT</u>	(c) Coal Lessee with Declaration
Address <u>601 57TH ST. SE</u>	Name <u>N/A</u>
<u>CHARLESTON, WV 25304</u>	Address _____
Telephone <u>304-269-3606</u>	_____

TO THE PERSONS NAMED ABOVE TAKE NOTICE THAT:

Included is the lease or leases or other continuing contract or contracts by which I hold the right to extract oil and gas

OR

X Included is the information required by Chapter 22, Article 6, Section 8(d) of the Code of West Virginia (see page 2)

I certify that as required under Chapter 22-6 of the West Virginia Code I have served copies of this notice and application, a location plat, and accompanying documents pages 1 through ____ on the above named parties by:

- Personal Service (Affidavit attached)
 X Certified Mail (Postmarked postal receipt attached)
 Publication (Notice of Publication attached)

I have read and understand Chapter 22-6 and 35 CSR 4, and I agree to the terms and conditions of any permit issued under this application.

I certify under penalty of law that I have personally examined and am familiar with the information submitted on this application form and all attachments, and that based on my inquiry of those individuals immediately responsible for obtaining the information, I believe that the information is true, accurate and complete.

I am aware that there are significant penalties for submitting false information, including the possibility of fine and imprisonment.

Well Operator

By:

Its:

Address

Telephone

Hall Drilling, LLC

Mike Hall

Designated Agent

P.O. Box 249

Ellenboro, WV 26346

304-869-3405

Subscribed and sworn before me this 3rd day of July

My Commission Expires _____

Notary Public

RECEIVED
Office of Oil & Gas
JUL 9 2009

WV Department of
Environmental Protection

Operator's Well Number SALEM SPORTSMEN CLUB # 2

INFORMATION SUPPLIED UNDER WEST VIRGINIA CODE
Chapter 22, Article 6, Section 8(d)
IN LIEU OF FILING LEASE(S) AND OTHER CONTINUING CONTRACT(S)

Under the oath required to make the verification on page 1 of this Notice and Application, I depose and say that I am the person who signed the Notice and Application for the Applicant, and that –

- (1) the tract of land is the same tract described in this Application, partly or wholly depicted in the accompanying plat, and described in the Construction and Reclamation Plan;
- (2) the parties and recordation data (if recorded) for lease(s) or other continuing contract(s) by which the Applicant claims the right to extract, produce or market the oil or gas are as follows:

Grantor, lessor, etc.	Grantee, lessee, etc.	Royalty	Book/Page
Clarence W. Mutschelknaus	Bluestone Energy Partners	1/8	1428/811

Well Operator: Hall Drilling, LLC
By: Mike Hall
Its: Designated Agent

RECEIVED
Office of Oil & Gas
JUL 9 2009
WV Department of
Environmental Protection

West Virginia Department of Environmental Protection
Office of Oil and Gas

NOTICE TO SURFACE OWNERS

The well operator named below is preparing to file for a permit from the state to drill a new well. Before a well work permit can be filed with the Chief of the Office of Oil and Gas, the well operator is required to have given notice of the right to request water well or spring analytical testing. This notice shall be given to the owners or occupants of land which have a water well or spring being utilized for human consumption, domestic animals, or other general use and which is located within 1000 feet of the proposed well site.

With this form, the operator is giving you notice of your right to request analytical testing. The operator is required to sample and analyze the water wells or springs of all owners or occupants who request it. Therefore, if you wish to have your water well or spring tested, contact the operator named below.

All sampling shall be completed prior to drilling. Within thirty (30) days of the receipt of such sample analyses the operator shall submit the results to the Chief of the Office of Oil and Gas and to the owners or occupants who may have requested them.

If no water well or spring is located within 1000 feet, the Chief may require the operator to sample and analyze water from a water well or spring within 2000 feet of the proposed well site.

Be advised, you have the right to sample and analyze any water supply at your own expense.

The laboratory used by the operator to analyze the samples will be approved by the Chief. The operator named below has decided to use the following laboratory to analyze the water samples:

<u>X</u>	Contractor Name	<u>Moody & Summers Land Surveying, LLC</u>
<u> </u>	Well operator's private laboratory	
	Well Operator	<u>Hall Drilling, LLC</u>
	Address	<u>P.O. Box 249</u>
		<u>Ellenboro, WV 26346</u>
	Telephone	<u>304-869-3405</u>

FOR OPERATOR'S USE ONLY: Below, or on an attached page, list those persons which were given this notice. Place an asterisk beside the one(s) that contacted you and requested sampling and analyses. If there were no requests made, indicate by underling which one you have selected to sample and analyze. If there are no water wells or springs within 1000 feet of the proposed site please indicate such.

Note: There appears to be possibly 1 +/- potential potable water sources within 1,000', therefore tests will be offered and samples taken as required.

RECEIVED
Office of Oil & Gas
JUL 9 2009
WV Department of
Environmental Protection

MOODY & SUMMERS LAND SURVEYING, LLC
P.O. BOX 293 ELLENBORO, WV 26346
(304) 665-7044

ENVIRONMENTAL DIVISION

WELL INFORMATION & POTENTIAL WATER WELL SAMPLE DATA SHEET

OPERATOR: HALL DRILLING, LLC

LEASE NAME & NUMBER: SALEM SPORTSMEN CLUB # 2

COMMENTS

The initial mapping review of the area surrounding the proposed well site revealed the below listed surface owner(s) that were potentially utilizing groundwater (potable) for Human Consumption or other purposes within 1000' of the proposed well site. The following landowners have been notified of the opportunity to request a water sample should it be necessary.

- Please note that the following information is subject to change upon field inspection.

INDIVIDUAL CONTACTED OR NOTIFIED

OWNER/OCCUPANT: SALEM SPORTSMEN CLUB INC.

ADDRESS: RR 5 BOX 1326 SALEM, WV 26426

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: _____

ADDRESS: _____

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: _____

ADDRESS: _____

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: _____

ADDRESS: _____

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: _____

ADDRESS: _____

LETTER/NOTICE DATE: _____

COMMENTS: _____

OWNER/OCCUPANT: _____

ADDRESS: _____

LETTER/NOTICE DATE: _____

COMMENTS: _____

STATE OF WEST VIRGINIA
DEPARTMENT OF ENVIRONMENTAL PROTECTION,
OFFICE OF OIL AND GAS

CONSTRUCTION AND RECLAMATION PLAN AND SITE REGISTRATION APPLICATION FORM
GENERAL PERMIT FOR OIL AND GAS PIT WASTE DISCHARGE

Operator Name Hall Drilling, LLC OP Code _____
Watershed JACOB'S RUN Quadrangle SALEM
Elevation 1307' County HARRISON District TENMILE

Description of anticipated Pit Waste: Drill Water, Frac Blow Back & Various Formation Cuttings

Will a synthetic liner be used in the pit? Yes

Proposed Disposal Method For Treated Pit Wastes:

- ☒ Land Application
☐ Underground Injection (UIC Permit Number _____)
☐ Reuse (at API Number _____)
☐ Off Site Disposal (Supply form WW-9 for disposal location)
☐ Other (Explain _____)

Proposed Work For Which Pit Will Be Used:

- ☒ Drilling ☒ Swabbing
☐ Workover ☐ Plugging
☐ Other (Explain _____)

I certify that I understand and agree to the terms and conditions of the GENERAL WATER POLLUTION PERMIT issued on August 1, 2005, by the Office of Oil and Gas of the West Virginia Department of Environmental Protection. I understand that the provisions of the permit are enforceable by law. Violations of any term or condition of the general permit and/or other applicable law or regulation can lead to enforcement action.

I certify under penalty of law that I have personally examined and am familiar with the information submitted on this application form and all attachments thereto and that, based on my inquiry of those individuals immediately responsible for obtaining the information, I believe that the information is true, accurate, and complete. I am aware that there are significant penalties for submitting false information, including the possibility of fine or imprisonment.

Company Official Signature _____

Company Official (Typed Name) Mike Hall

Company Official Title President

Subscribed and sworn before me this 3rd day of July, 2009

Notary Public

My commission expires 4/18/2011


RECEIVED
Office of Oil & Gas

JUL 9 2009

WV Department of
Environmental Protection

SALEM SPORTSMEN CLUB, INC. LEASE WELL # 2 RECLAMATION PLAN

LINE	BEARING	DISTANCE
L1	+4-6 %	185'
L2	+10-12 %	103'
L3	+8-10 %	35'
L4	+12-14 %	190'
L5	+18-20 %	120'
L6	+18-20 %	36'
L7	+14-16 %	83'
L8	+18-20 %	57'
L9	+18-20 %	37'
L10	+18-20 %	65'
L11	+16-18 %	152'
L12	+10-12 %	64'
L13	+4-6 %	48'
L14	-10-12 %	55'
L15	-6-8 %	77'
L16	-16-18 %	201'
L17	0-2 %	114'
L18	0-2 %	155'
L19	-2-4 %	158'
L20	0-2 %	111'
L21	+4-6 %	195'



WELL
2

NOT TO SCALE
NORTH

ALL ROADS SHOWN HEREON SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.E.P. OIL AND GAS BMP MANUAL. ENTRANCES AT COUNTY/STATE ROADS SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.O.T. REGULATIONS. SEPERATE PERMITS MAY BE REQUIRED BY THE D.O.T.

SEDIMENT BASINS AND APPROPRIATE EROSION CONTROL BARRIERS ARE TO BE CONSTRUCTED AT ALL CULVERT AND CROSS DRAIN INLETS AND OUTLETS AS REQUIRED IN THE D.E.P. OIL AND GAS BMP MANUAL. FIELD CONDITIONS MAY PROHIBIT INLET TRAPS BEING INSTALLED. WHEN THESE CONDITIONS EXIST, ADDITIONAL EROSION CONTROL MEASURES SHALL BE EVALUATED AND UTILIZED WHEN NEEDED.

EARTHWORK CONTRACTORS ARE RESPONSIBLE FOR NOTIFICATION TO THE OPERATOR AND INSPECTOR PRIOR TO ANY DEVIATION FROM THIS RECLAMATION PLAN.

PRE SEED AND MULCH ALL SLOPES AFTER CONSTRUCTION OF LOCATION.

BRUSH TO BE UTILIZED AS SEDIMENT BARRIER BELOW CONSTRUCTION AREAS.

INSTALL 12-INCH MINIMUM CULVERT AT ALL SHOWN UNLESS NOTED.

WATER BREAK

SALEM SPORTSMEN CLUB, INC
44.37 AC. +/-

WELL
1

R. ANDREWS
1.90 AC. +/-

G. DAVIS
2 AC. +/-

J. CARLISLE
5.40 AC. +/-

23

MOODY & SUMMERS
LAND SURVEYING, LLC
P.O. BOX 293, ELLENBORO, WV 26346
(304) 869-4042


DATE: 6/01/09

DRAWN BY: JEM

JOB #: 09-055


REFERENCE SKETCH

NOT TO SCALE



33-05293

WELL # 2
SALEM SPORTSMEN
CLUB, INC.
44.37 AC. +/-



MOODY & SUMMERS LAND SURVEYING, LLC
 P.O. BOX 293 ELLENBORO, WV 26346
 (304) 869-4042

TOPO SECTION OF SALEM, MS
 JOB # 09-055 06/01/09 1"

RECEIVED
 Office of Oil & Gas
 9 2009
 WV Department of
 Environmental Protection

WW-2A Surface Waiver**SURFACE OWNER WAIVER**County HARRISON

Operator

Hall Drilling, LLC

Operator well number

SALEM SPORTSMEN
CLUB # 2**INSTRUCTIONS TO SURFACE OWNERS NAMED ON PAGE WW2-A**

The well operator named on page WW2A is applying for a permit from the State to do oil or gas well work. (Note: If the surface tract is owned by more than three persons, then these materials were served on you because your name appeared on the Sheriff's tax ticket on the land or because you actually occupy the surface tract. In either case, you may be the only owner who will actually receive these materials.) See Chapter 22 of the West Virginia Code. Well work permits are valid for 24 months. If you do not own any interest in the surface tract, please forward these materials to the true owner immediately if you know who it is. Also, please notify the well operator and the Office of Oil and Gas.

NOTE: YOU ARE NOT REQUIRED TO FILE ANY COMMENT.**WHERE TO FILE COMMENTS AND OBTAIN ADDITIONAL INFORMATION:**

Chief, Office of Oil and Gas
Department of Environmental Protection
601 57th St. SE
Charleston, WV 25304
(304) 926-0450

Time Limits and methods for filing comments. The law requires these materials to be served on or before the date the operator files his Application. You have **FIFTEEN (15) DAYS** after the filing date to file your comments. Comments must be filed in person or received in the mail by the Chief's office by the time stated above. You may call the Chief's office to be sure of the date. Check with your postmaster to ensure adequate delivery time or to arrange special expedited handling. If you have been contacted by the well operator and you have signed a "voluntary statement of no objection" to the planned work described in these materials, then the permit may be issued at any time.

Comments must be in writing. Your comments must include your name, address and telephone number, the well operator's name and well number and the approximate location of the proposed well site including district and county from the application. You may add other documents, such as sketches, maps or photographs to support your comments.

The Chief has the power to deny or condition a well work permit based on comments on the following grounds:

- 1) The proposed well work will constitute a hazard to the safety of persons.
- 2) The soil erosion and sediment control plan is not adequate or effective;
- 3) Damage would occur to publicly owned lands or resources;
- 4) The proposed well work fails to protect fresh water sources or supplies;
- 5) The applicant has committed a substantial violation of a previous permit or a substantial violation of one or more of the rules promulgated under Chapter 22, and has failed to abate or seek review of the violation..."

If you want a copy of the permit as it is issued or a copy of the order denying the permit, you should request a copy from the Chief.

List of Water Testing Laboratories. The Office maintains a list of water testing laboratories which you can hire to test your water to establish water quality prior to and after drilling. Contact the Chief to obtain a copy.

VOLUNTARY STATEMENT OF NO OBJECTION

I hereby state that I have read the instructions to surface owners and that I have received copies of a Notice and Application for a Well Work Permit on Form WW2-A, and attachments consisting of pages 1 through ____ including a work order on Form WW2-B, a survey plat, and a soil and erosion plan, all for proposed well work on my surface land as described therein.

I further state that I have no objection to the planned work described in these materials, and I have no objection to a permit being issued on those materials.

FOR EXECUTION BY A NATURAL PERSON

FOR EXECUTION BY A CORPORATION, ETC.

Company

Name

By

Its

Date

Signature

Date

Signature

Date 6-30-09Kevin Fluharty, Board member

Print Name

Coal Owner
Notification
Salem Sportsman Club
Well No. 1
Well No. 2


7007 1490 0004 3632 8479

U.S. Postal ServiceTM
CERTIFIED MAILTM RECEIPT
(Domestic Mail Only; No Insurance Coverage Provided)

For delivery information visit our website at www.usps.com

OFFICIAL USE

Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00



Sent To American Mountaineer Energy, Inc.
Street, Apt. No.,
or PO Box No. Rt. 2 Box 406, Suite 115
City, State, ZIP+4[®] Clarksburg, WV 26301

PS Form 3800, August 2006

See Reverse for Instructions


7007 1490 0004 3632 8462

U.S. Postal ServiceTM
CERTIFIED MAILTM RECEIPT
(Domestic Mail Only; No Insurance Coverage Provided)

For delivery information visit our website at www.usps.com

OFFICIAL USE

Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00



Sent To Virginia Tetrick Heirs of Guy Corporation
Street, Apt. No.,
or PO Box No. 92 116th Street, 2nd Floor
City, State, ZIP+4[®] Wheeling WV 26003

PS Form 3800, August 2006



See Reverse for Instructions

RECEIVED
Office of Oil & Gas
JUL 9 2009
WV Department of
Environmental Protection

7305'

LON: 80°32'30"

COUNTY NAME	PERMIT
ALBANY	1
ALBANY	2
ALBANY	3
ALBANY	4
ALBANY	5
ALBANY	6
ALBANY	7
ALBANY	8
ALBANY	9
ALBANY	10
ALBANY	11
ALBANY	12
ALBANY	13
ALBANY	14
ALBANY	15
ALBANY	16
ALBANY	17
ALBANY	18
ALBANY	19
ALBANY	20
ALBANY	21
ALBANY	22
ALBANY	23
ALBANY	24
ALBANY	25
ALBANY	26
ALBANY	27
ALBANY	28
ALBANY	29
ALBANY	30
ALBANY	31
ALBANY	32
ALBANY	33
ALBANY	34
ALBANY	35
ALBANY	36
ALBANY	37
ALBANY	38
ALBANY	39
ALBANY	40
ALBANY	41
ALBANY	42
ALBANY	43
ALBANY	44
ALBANY	45
ALBANY	46
ALBANY	47
ALBANY	48
ALBANY	49
ALBANY	50
ALBANY	51
ALBANY	52
ALBANY	53
ALBANY	54
ALBANY	55
ALBANY	56
ALBANY	57
ALBANY	58
ALBANY	59
ALBANY	60
ALBANY	61
ALBANY	62
ALBANY	63
ALBANY	64
ALBANY	65
ALBANY	66
ALBANY	67
ALBANY	68
ALBANY	69
ALBANY	70
ALBANY	71
ALBANY	72
ALBANY	73
ALBANY	74
ALBANY	75
ALBANY	76
ALBANY	77
ALBANY	78
ALBANY	79
ALBANY	80
ALBANY	81
ALBANY	82
ALBANY	83
ALBANY	84
ALBANY	85
ALBANY	86
ALBANY	87
ALBANY	88
ALBANY	89
ALBANY	90
ALBANY	91
ALBANY	92
ALBANY	93
ALBANY	94
ALBANY	95
ALBANY	96
ALBANY	97
ALBANY	98
ALBANY	99
ALBANY	100



JOSHUA E. MOODY, P.S. 2020

Lease Name: Salem Sportsman Club, Inc Lease

Acreage: 44.37 Acres +/-

Well: Well No.1

Distance from nearest lease line: 278 feet

Permitted Deep Wells within 3000':


None

Proposed Deep Wells:

Salem Sportsman Club #2

Applying for a deep well permit to drill with 80 feet into the Onondaga
per code

Hall Drilling has no issue drilling within the 3000 feet of our own wells
as per those wells listed above in relationship to the proposed Salem
Sportsman Club Well No 1.



SURV. LON:80°34'08.4"
DEC. LON:80.56900

7730'

PROPOSED WELL
ST. PLANE NAD 27
COORDINATES
N:292578
E:1697477

SALEM SPORTSMEN CLUB, INC
44.37 AC. +/- LEASE
WELL # 1

LAT: 39°20'00"

LON: 80°32'30"

DIOCESE OF WHEELING
63.87 AC. +/-

FLUSH STONE FOUND
WITH 3 HACKS

CITY OF SALEM
133.5 AC. +/-

SURF:
SALEM SPORTSMEN CLUB, INC
44.37 AC. +/-

R. McCLANEN
45.08 AC. +/-

5/8" REBAR
FOUND

WELL
1

N 52° W
100'

P. ANDREWS
1.90 AC. +/-

G. DAVIS
2 AC. +/-

J. CARLISLE
5.40 AC. +/-

MEMORIAL
PARK

4.92 AC. +/-

U.S. ROUTE 50

SUBDIVISION

MEASUREMENTS TAKEN WITH
TRIMBLE GEOXT SUBMETER
MAPPING GRADE UNIT.

(+) DENOTES LOCATION OF WELL ON UNITED STATES TOPOGRAPHIC MAPS

JOB # 09-055

DRAWING # SALEMSPORTSMENWP1

SCALE 1" = 500'

MINIMUM DEGREE OF

ACCURACY 1"=2500'

PROVEN SOURCE OF ELEV.


SUBMETER MAPPING GRADE GPS

STATE OF WEST VIRGINIA
DEPARTMENT OF ENERGY
DIVISION OF OIL AND GAS



STATE OF WEST VIRGINIA, DIVISION
OF ENVIRONMENTAL PROTECTION,
OFFICE OF OIL AND GAS

MOODY & SUMMERS LAND SURVEYING, LLC
P.O. BOX 293 ELLENBORO
WEST VIRGINIA 26346



JOSHUA E. MOODY, P.S. 2020

DATE 6/01/09

OPERATOR'S WELL # NO. 1

API WELL #

STATE 47 COUNTY 033 PERMIT

WELL TYPE: OIL GAS X LIQUID INJECTION WASTE DISPOSAL

(IF "GAS") PRODUCTION X STORAGE DEEP X SHALLOW

LOCATION: ELEVATION 1315' WATERSHED JACOBS RUN

DISTRICT TENMILE COUNTY HARRISON

QUADRANGLE SALEM 7.5'

SURFACE OWNER SALEM SPORTSMEN CLUB, INC. ACREAGE 44.37 ACRES +/-

OIL & GAS ROYALTY OWNER SALEM SPORTSMEN CLUB, INC. LEASE ACREAGE 44.37 AC. +/-

PROPOSED WORK: DRILL X CONVERT DRILL DEEPER REDRILL FRACTURE OR

STIMULATE X PLUG OFF OLD FORMATION PERFORATE NEW FORMATION

OTHER PHYSICAL CHANGE IN WELL (SPECIFY)

PLUG & ABANDON CLEAN OUT & REPLUG

TARGET FORMATION MARCELLUS

WELL OPERATOR HALL DRILLING CO. LLC.

ADDRESS P.O. BOX 249

ELLENBORO, WV 26346


ESTIMATED DEPTH 8100'

DESIGNATED AGENT MIKE HALL

ADDRESS P.O. BOX 249

ELLENBORO, WV 26346

LEASE # 21229



MOODY & SUMMERS LAND SURVEYING, LLC
P.O. BOX 293 ELLENBORO, WV 26346
(304) 869-4042


TOPO SECTION OF SALEM 7.5'
JOB # 09-055 06/01/09 1" = 1000'

SALEM SPORTSMEN CLUB, INC. LEASE WELL # 1 RECLAMATION PLAN

LINE	BEARING	DISTANCE
L1	+4-6 %	185'
L2	+10-12 %	103'
L3	+8-10 %	35'
L4	+12-14 %	190'
L5	+18-20 %	120'
L6	+18-20 %	36'
L7	+14-16 %	83'
L8	+18-20 %	57'
L9	+18-20 %	37'
L10	+18-20 %	65'
L11	+16-18 %	152'
L12	+10-12 %	64'
L13	+4-6 %	48'
L14	-10-12 %	55'
L15	-6-8 %	77'
L16	-16-18 %	201'
L17	0-2 %	114'
L18	0-2 %	155'
L19	-2-4 %	158'
L20	0-2 %	111'
L21	+4-6 %	195'



WELL
2



NOT TO SCALE

ALL ROADS SHOWN HEREON SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.E.P. OIL AND GAS BMP MANUAL. ENTRANCES AT COUNTY/STATE ROADS SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.O.T. REGULATIONS. SEPERATE PERMITS MAY BE REQUIRED BY THE D.O.T.

SEDIMENT BASINS AND APPROPRIATE EROSION CONTROL BARRIERS ARE TO BE CONSTRUCTED AT ALL CULVERT AND CROSS DRAIN INLETS AND OUTLETS AS REQUIRED IN THE D.E.P. OIL AND GAS BMP MANUAL. FIELD CONDITIONS MAY PROHIBIT INLET TRAPS BEING INSTALLED. WHEN THESE CONDITIONS EXIST, ADDITIONAL EROSION CONTROL MEASURES SHALL BE EVALUATED AND UTILIZED WHEN NEEDED.

EARTHWORK CONTRACTORS ARE RESPONSIBLE FOR NOTIFICATION TO THE OPERATOR AND INSPECTOR PRIOR TO ANY DEVIATION FROM THIS RECLAMATION PLAN.

PRE SEED AND MULCH ALL SLOPES AFTER CONSTRUCTION OF LOCATION.

BRUSH TO BE UTILIZED AS SEDIMENT BARRIER BELOW CONSTRUCTION AREAS.



INSTALL 12-INCH MINIMUM CULVERT AT ALL SHOWN UNLESS NOTED.



WATER BREAK

SALEM SPORTSMEN CLUB, INC
44.37 AC. +/-

WELL
1

R. ANDREWS
1.90 AC. +/-

G. DAVIS
2 AC. +/-

J. CARLISLE
5.40 AC. +/-

23

REFERENCE SKETCH

NOT TO SCALE

WELL
NO. 1

REF:

REF:

WOODS

WOODS

PIT SIZE
200' x 175' x 8'
FRESHWATER
PIT

PROPOSED GRADE

ALT.

CUT

FILL

PIT

SEDIMENT BARRIER

WOODS

WOODS

MOODY & SUMMERS
LAND SURVEYING, LLC

P.O. BOX 293, ELLENBORO, WV 26346
(304) 869-4042

DATE: 6/01/09

DRAWN BY: JEM

JOB #: 09-055

WW-2A Surface Waiver**SURFACE OWNER WAIVER**

County HARRISON Operator Hall Drilling, LLC
 Operator well number SALEM SPORTSMEN
CLUB # 1

INSTRUCTIONS TO SURFACE OWNERS NAMED ON PAGE WW2-A

The well operator named on page WW2A is applying for a permit from the State to do oil or gas well work. (Note: If the surface tract is owned by more than three persons, then these materials were served on you because your name appeared on the Sheriff's tax ticket on the land or because you actually occupy the surface tract. In either case, you may be the only owner who will actually receive these materials.) See Chapter 22 of the West Virginia Code. Well work permits are valid for 24 months. If you do not own any interest in the surface tract, please forward these materials to the true owner immediately if you know who it is. Also, please notify the well operator and the Office of Oil and Gas.

NOTE: YOU ARE NOT REQUIRED TO FILE ANY COMMENT.

WHERE TO FILE COMMENTS AND OBTAIN ADDITIONAL INFORMATION:

Chief, Office of Oil and Gas
 Department of Environmental Protection
 601 57th St. SE
 Charleston, WV 25304
 (304) 926-0450

Time Limits and methods for filing comments. The law requires these materials to be served on or before the date the operator files his Application. You have **FIFTEEN (15) DAYS** after the filing date to file your comments. Comments must be filed in person or received in the mail by the Chief's office by the time stated above. You may call the Chief's office to be sure of the date. Check with your postmaster to ensure adequate delivery time or to arrange special expedited handling. If you have been contacted by the well operator and you have signed a "voluntary statement of no objection" to the planned work described in these materials, then the permit may be issued at any time.

Comments must be in writing. Your comments must include your name, address and telephone number, the well operator's name and well number and the approximate location of the proposed well site including district and county from the application. You may add other documents, such as sketches, maps or photographs to support your comments.

The Chief has the power to deny or condition a well work permit based on comments on the following grounds:

- 1) The proposed well work will constitute a hazard to the safety of persons.
- 2) The soil erosion and sediment control plan is not adequate or effective;
- 3) Damage would occur to publicly owned lands or resources;
- 4) The proposed well work fails to protect fresh water sources or supplies;
- 5) The applicant has committed a substantial violation of a previous permit or a substantial violation of one or more of the rules promulgated under Chapter 22, and has failed to abate or seek review of the violation..."

If you want a copy of the permit as it is issued or a copy of the order denying the permit, you should request a copy from the Chief.

List of Water Testing Laboratories. The Office maintains a list of water testing laboratories which you can hire to test your water to establish water quality prior to and after drilling. Contact the Chief to obtain a copy.


VOLUNTARY STATEMENT OF NO OBJECTION

I hereby state that I have read the instructions to surface owners and that I have received copies of a Notice and Application for a Well Work Permit on Form WW2-A, and attachments consisting of pages 1 through ___ including a work order on Form WW2-B, a survey plat, and a soil and erosion plan, all for proposed well work on my surface land as described therein.

I further state that I have no objection to the planned work described in these materials, and I have no objection to a permit being issued on those materials.

FOR EXECUTION BY A NATURAL PERSON

FOR EXECUTION BY A CORPORATION, ETC.


 Signature Date 6-30-09

Kevin Fluharty, Boardmember
 Print Name

Company Name _____
 By _____
 Its _____
 Date _____
 Signature _____
 Date _____

Coal Owner
Notification
Salem Sportsman Club
Well No. 1
Well No. 2

7007 1490 0004 3632 8479

U.S. Postal ServiceTM	
CERTIFIED MAILTM RECEIPT	
<i>(Domestic Mail Only; No Insurance Coverage Provided)</i>	
For delivery information visit our website at www.usps.com	
OFFICIAL USE	
Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00

Postmark Here
JUL 16 2009

Sent To
American Mountaineer Energy, Inc.
Rt. 2 Box 406, Suite 115
Clarksburg, WV 26301

PS Form 3800, August 2006 See Reverse for Instructions


7007 1490 0004 3632 8462

U.S. Postal ServiceTM	
CERTIFIED MAILTM RECEIPT	
<i>(Domestic Mail Only; No Insurance Coverage Provided)</i>	
For delivery information visit our website at www.usps.com	
OFFICIAL USE	
Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00

Postmark Here
JUL 16 2009

Sent To
Virginia Tetric Heirs c/o Guy Corporation
92 11th Street, 2nd Floor
Wheeling WV 26003

PS Form 3800, August 2006 See Reverse for Instructions



8/19/09

Lease Name: Salem Sportsman Club, Inc Lease

Acreage: 44.37 Acres +/-

Well: Well No.2

Distance from nearest lease line: 350 feet

Permitted Deep Wells within 3000':

None

Proposed Deep Wells:

Salem Sportsman Club #1

Applying for a deep well permit to drill with 80 feet into the Onondaga
per code

Hall Drilling has no issue drilling within the 3000 feet of our own wells
as per those wells listed above in relationship to the proposed Salem
Sportsman Club Well No 2.



SURV. LON: 80°34'02.9"
DEC. LON: 80.56748

7305'

LAT: 39°20'00"

PROPOSED WELL
ST. PLANE NAD 27
COORDINATES
N: 293591
E: 1697917

SALEM SPORTSMEN CLUB, INC
44.37 AC. +/- LEASE
WELL # 2

DIOCESE OF WHEELING
63.87 AC. +/-

FLUSH STONE FOUND
WITH 3 HACKS

CITY OF SALEM
133.5 AC. +/-

SURF:
SALEM SPORTSMEN CLUB, INC
44.37 AC. +/-

R. McCLANEN
45.08 AC. +/-

5/8" REBAR
FOUND

LAKE

N 52° W
100'

R. ANDREWS
1.90 AC. +/-

G. DAVIS
2 AC. +/-

J. CARLISLE
5.40 AC. +/-

MEMORIAL
PARK

4.92 AC. +/-

U.S. ROUTE 50


SUBDIVISION

MEASUREMENTS TAKEN WITH
TRIMBLE GEOXT SUBMETER
MAPPING GRADE UNIT.

(+) DENOTES LOCATION OF WELL ON UNITED STATES TOPOGRAPHIC MAPS

JOB # 09-055
DRAWING # SALEMSPORTSMENWP2
SCALE 1" = 500'
MINIMUM DEGREE OF
ACCURACY 1"=2500'
PROVEN SOURCE OF ELEV.
SUBMETER MAPPING GRADE GPS

I THE UNDERSIGNED, HEREBY CERTIFY THAT THIS PLAT IS CORRECT TO
THE BEST OF MY KNOWLEDGE AND BELIEF AND SHOWS ALL THE INFORMATION
REQUIRED BY LAW AND THE REGULATIONS ISSUED AND PERSCRIBED BY
THE DEPARTMENT OF ENVIRONMENTAL PROTECTION.



STATE OF WEST VIRGINIA, DIVISION
OF ENVIRONMENTAL PROTECTION,
OFFICE OF OIL AND GAS

MOODY & SUMMERS LAND SURVEYING, LLC
P.O. BOX 293 ELLENBORO
WEST VIRGINIA 26346

STATE OF WEST VIRGINIA
DEPARTMENT OF ENERGY
DIVISION OF OIL AND GAS



WELL TYPE: OIL ☐ GAS ☒ LIQUID INJECTION ☐ WASTE DISPOSAL ☐
(IF "GAS") PRODUCTION ☒ STORAGE ☐ DEEP ☒ SHALLOW ☐
LOCATION: ELEVATION 1307' WATERSHED JACOBS RUN
DISTRICT TENMILE COUNTY HARRISON
QUADRANGLE SALEM 7.5'

SURFACE OWNER SALEM SPORTSMEN CLUB, INC. ACREAGE 44.37 ACRES +/-
OIL & GAS ROYALTY OWNER SALEM SPORTSMEN CLUB, INC. LEASE ACREAGE 44.37 AC. +/-
PROPOSED WORK: DRILL ☒ CONVERT ☐ DRILL DEEPER ☐ REDRILL ☐ FRACTURE OR
STIMULATE ☒ PLUG OFF OLD FORMATION ☐ PERFORATE NEW FORMATION ☐
OTHER PHYSICAL CHANGE IN WELL (SPECIFY) _____
PLUG & ABANDON ☐ CLEAN OUT & REPLUG ☐
TARGET FORMATION MARCELLUS
WELL OPERATOR HALL DRILLING CO. LLC.
ADDRESS P.O. BOX 249
ELLENBORO, WV 26346

ESTIMATED DEPTH 8100'
DESIGNATED AGENT MIKE HALL
ADDRESS P.O. BOX 249
ELLENBORO, WV 26346

LEASE # 21229


FORM WW-6



JOSHUA E. MOODY, P.S. 2020

DATE 6/01/09
OPERATOR'S WELL # NO. 2
API WELL # 47 - 033 -
STATE COUNTY PERMIT

COUNTY NAME PERMIT




MOODY & SUMMERS LAND SURVEYING, LLC
P.O. BOX 293 ELLENBORO, WV 26346
(304) 869-4042

TOPO SECTION OF SALEM 7.5'
JOB # 09-055 06/01/09 1" = 1000'

SALEM SPORTSMEN CLUB, INC. LEASE WELL # 2 RECLAMATION PLAN

LINE	BEARING	DISTANCE
L1	+4-6 %	185'
L2	+10-12 %	103'
L3	+8-10 %	35'
L4	+12-14 %	190'
L5	+18-20 %	120'
L6	+18-20 %	36'
L7	+14-16 %	83'
L8	+18-20 %	57'
L9	+18-20 %	37'
L10	+18-20 %	65'
L11	+16-18 %	152'
L12	+10-12 %	64'
L13	+4-6 %	48'
L14	-10-12 %	55'
L15	-6-8 %	77'
L16	-16-18 %	201'
L17	0-2 %	114'
L18	0-2 %	155'
L19	-2-4 %	158'
L20	0-2 %	111'
L21	+4-6 %	195'

WELL
2

ALL ROADS SHOWN HEREON SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.E.P. OIL AND GAS BMP MANUAL. ENTRANCES AT COUNTY/STATE ROADS SHALL BE MAINTAINED IN ACCORDANCE WITH WV D.O.T. REGULATIONS. SEPERATE PERMITS MAY BE REQUIRED BY THE D.O.T.

SEDIMENT BASINS AND APPROPRIATE EROSION CONTROL BARRIERS ARE TO BE CONSTRUCTED AT ALL CULVERT AND CROSS DRAIN INLETS AND OUTLETS AS REQUIRED IN THE D.E.P. OIL AND GAS BMP MANUAL. FIELD CONDITIONS MAY PROHIBIT INLET TRAPS BEING INSTALLED. WHEN THESE CONDITIONS EXIST, ADDITIONAL EROSION CONTROL MEASURES SHALL BE EVALUATED AND UTILIZED WHEN NEEDED.

EARTHWORK CONTRACTORS ARE RESPONSIBLE FOR NOTIFICATION TO THE OPERATOR AND INSPECTOR PRIOR TO ANY DEVIATION FROM THIS RECLAMATION PLAN.

PRE SEED AND MULCH ALL SLOPES AFTER CONSTRUCTION OF LOCATION.

BRUSH TO BE UTILIZED AS SEDIMENT BARRIER BELOW CONSTRUCTION AREAS.



INSTALL 12-INCH MINIMUM CULVERT AT ALL SHOWN UNLESS NOTED.



WATER BREAK

SALEM SPORTSMEN CLUB, INC
44.37 AC. +/-

WELL
1

R. ANDREWS
1.90 AC. +/-

G. DAVIS
2 AC. +/-

J. CARLISLE
5.40 AC. +/-

23

REFERENCE SKETCH

NOT TO SCALE

WELL
NO. 2

REF:

REF:

WOODS

WOODS

ALT.

PIT

PROPOSED GRADE

MIN CUT

MIN FILL

PIT SIZE
200'x175'x8'
FRESHWATER
PIT

SEDIMENT BARRIER

WOODS

WOODS

MOODY & SUMMERS
LAND SURVEYING, LLC

P.O. BOX 293, ELLENBORO, WV 26346
(304) 869-4042

DATE: 6/01/09

DRAWN BY: JEM

JOB #: 09-055

WW-2A Surface Waiver**SURFACE OWNER WAIVER**County HARRISON

Operator

Operator well number

Hall Drilling, LLCSALEM SPORTSMENCLUB # 2**INSTRUCTIONS TO SURFACE OWNERS NAMED ON PAGE WW2-A**

The well operator named on page WW2A is applying for a permit from the State to do oil or gas well work. (Note: If the surface tract is owned by more than three persons, then these materials were served on you because your name appeared on the Sheriff's tax ticket on the land or because you actually occupy the surface tract. In either case, you may be the only owner who will actually receive these materials.) See Chapter 22 of the West Virginia Code. Well work permits are valid for 24 months. If you do not own any interest in the surface tract, please forward these materials to the true owner immediately if you know who it is. Also, please notify the well operator and the Office of Oil and Gas.

NOTE: YOU ARE NOT REQUIRED TO FILE ANY COMMENT.**WHERE TO FILE COMMENTS AND OBTAIN ADDITIONAL INFORMATION:**

Chief, Office of Oil and Gas
Department of Environmental Protection
601 57th St SE
Charleston, WV 25304
(304) 926-0450

Time Limits and methods for filing comments. The law requires these materials to be served on or before the date the operator files his Application. You have **FIFTEEN (15) DAYS** after the filing date to file your comments. Comments must be filed in person or received in the mail by the Chief's office by the time stated above. You may call the Chief's office to be sure of the date. Check with your postmaster to ensure adequate delivery time or to arrange special expedited handling. If you have been contacted by the well operator and you have signed a "voluntary statement of no objection" to the planned work described in these materials, then the permit may be issued at any time.

Comments must be in writing. Your comments must include your name, address and telephone number, the well operator's name and well number and the approximate location of the proposed well site including district and county from the application. You may add other documents, such as sketches, maps or photographs to support your comments.

The Chief has the power to deny or condition a well work permit based on comments on the following grounds:

- 1) The proposed well work will constitute a hazard to the safety of persons.
- 2) The soil erosion and sediment control plan is not adequate or effective;
- 3) Damage would occur to publicly owned lands or resources;
- 4) The proposed well work fails to protect fresh water sources or supplies;
- 5) The applicant has committed a substantial violation of a previous permit or a substantial violation of one or more of the rules promulgated under Chapter 22, and has failed to abate or seek review of the violation..."

If you want a copy of the permit as it is issued or a copy of the order denying the permit, you should request a copy from the Chief.

List of Water Testing Laboratories. The Office maintains a list of water testing laboratories which you can hire to test your water to establish water quality prior to and after drilling. Contact the Chief to obtain a copy.

VOLUNTARY STATEMENT OF NO OBJECTION

I hereby state that I have read the instructions to surface owners and that I have received copies of a Notice and Application for a Well Work Permit on Form WW2-A, and attachments consisting of pages 1 through ____ including a work order on Form WW2-B, a survey plat, and a soil and erosion plan, all for proposed well work on my surface land as described therein.

I further state that I have no objection to the planned work described in these materials, and I have no objection to a permit being issued on those materials.

FOR EXECUTION BY A NATURAL PERSONDate 6-30-09

Signature

Kevin Fluharty, Board member

Print Name

FOR EXECUTION BY A CORPORATION, ETC.

Company

Name

By

Its

Date

Signature

Date

Coal Owner
Notification
Salem Sportsman Club
Well No. 1
Well No. 2

7007 1490 0004 3632 8479

U.S. Postal Service TM	
CERTIFIED MAILTM RECEIPT	
(Domestic Mail Only; No Insurance Coverage Provided)	
For delivery information visit our website at www.usps.com	
OFFICIAL USE	
Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00

Postmark Here

Sent To: American Mountaineer Energy, Inc.
Street, Apt. No. or PO Box No. Rt. 2 Box 406, Suite 115
City, State, ZIP+4 Clarksburg, WV 26301

PS Form 3800, August 2006 See Reverse for Instructions

7007 1490 0004 3632 8462

U.S. Postal Service TM	
CERTIFIED MAILTM RECEIPT	
(Domestic Mail Only; No Insurance Coverage Provided)	
For delivery information visit our website at www.usps.com	
OFFICIAL USE	
Postage	\$ 1.90
Certified Fee	2.80
Return Receipt Fee (Endorsement Required)	2.30
Restricted Delivery Fee (Endorsement Required)	
Total Postage & Fees	\$ 7.00

Postmark Here

Sent To: Virginia Tetrick Heirs Co. Guy Corporation
Street, Apt. No. or PO Box No. 92 116th Street, 2nd Floor
City, State, ZIP+4 Wheeling WV 26003

PS Form 3800, August 2006 See Reverse for Instructions

